

California Regional Water Quality Control Board

San Francisco Bay Region

May 13, 2015, 9:00 a.m.

**PARTIAL TRANSCRIPT:**

**Item 6. Las Gallinas Valley Sanitary District,  
Sewage Treatment Plant and Wastewater Collection  
System, San Rafael, Marin County - Reissuance of  
NPDES Permit and Rescission of Cease and Desist  
Order**

Elihu M. Harris Building

First Floor Auditorium

1515 Clay Street

Oakland, CA 94612

Reported by:  
Julie Link

1 Item 6. Las Gallinas Valley Sanitary District,  
2 Sewage Treatment Plant and Wastewater Collection  
3 System, San Rafael, Marin County - Reissuance of  
4 NPDES Permit and Rescission of Cease and Desist  
5 Order

6 MR. WOLFE: Item 6 is Consideration of  
7 Reissuance of NPDES Permit and Rescission of  
8 Cease and Desist Order for the Las Gallinas  
9 Valley Sanitary District. Marcia Liao is going  
10 to make the staff presentation and we do have two  
11 parts to this presentation. The first part will  
12 focus on toxicity testing, and then we'll talk  
13 more specifically about the permit reissuance,  
14 itself.

15 MS. LIAO: Good morning. My name is  
16 Marcia Liao. I am an Engineer working in the  
17 NPDES Wastewater Division.

18 MR. WOLFE: Turn the microphone closer.  
19 There we go.

20 MS. LIAO: Okay. My presentation today  
21 is on the Permit Reissuance for the Las Gallinas  
22 Valley Sanitary District. And my presentation  
23 will be in two parts.

24 The first part will be a brief  
25 introduction of toxicity testing. This is

1 because toxicity is the central issue of this  
2 permit reissuance and we are proposing to impose  
3 new numeric chronic toxicity limits that the  
4 District and the other commenters oppose. We  
5 will answer any questions you may have after this  
6 first part.

7           And in the second part, I will cover the  
8 specific issues being raised by the commenters on  
9 the Las Gallinas Permit Reissuance. And we will  
10 take questions after that part, as well.

11           Part 1 is toxicity testing and its role  
12 in the NPDES Program. I will explain why  
13 toxicity testing is necessary, what a toxicity  
14 test is, and how toxicity tests are conducted,  
15 and then what must be done when toxicity is  
16 found.

17           Why is toxicity testing necessary?  
18 First, toxicity testing has been a fundamental  
19 part of wastewater regulations since the Board's  
20 first Basin Plan in 1975. That Basin Plan  
21 required acute toxicity testing and set effluent  
22 limits. And in the 1980's the Board added  
23 requirements for chronic toxicity.

24           Toxicity testing provides a means to  
25 directly evaluate compliance with the Basin

1 Plan's narrative water quality objective for  
2 toxicity, which is for all surface water to have  
3 no pollutants in toxic amounts.

4           Second, there are potentially millions of  
5 chemicals in wastewater, although chemical  
6 specific testing also would provide crucial  
7 information for the protection against toxicity.  
8 But we only have tools to evaluate, to measure,  
9 relatively few of them, and we have water quality  
10 criteria for even fewer of them. So chemical  
11 specific testing has limitations and we need  
12 something else.

13           Furthermore, wastewater is a mixture of  
14 chemicals. Toxicity testing allows us to  
15 evaluate holistically the soup of chemicals that  
16 could be in wastewater. Therefore, toxicity  
17 testing is necessary and an integral part of  
18 NPDES wastewater permits. It is not uncommon for  
19 effluents from a treatment plant to comply with  
20 all chemical specific limits, but fail a toxicity  
21 test. Las Gallinas is just one such example.

22           So what is a toxicity test? First, I'd  
23 like to point out that toxicity testing can be  
24 performed on all sorts of soil and water samples.  
25 But for today's presentation, I would just focus

1 on effluent samples from wastewater treatment  
2 plants.

3 In this context, a toxicity test involves  
4 exposing live organisms to an effluent sample and  
5 observing any toxic effects on the organism  
6 compared to the control group.

7 The typical toxic effects observed  
8 consist of mortality, or reduced growth, or  
9 reduced reproduction. Test organisms used in  
10 toxicity tests include plants, invertebrates, and  
11 fish. This slide shows some of the typical test  
12 species that are used in wastewater testing.

13 Now, I'm going to explain how toxicity  
14 tests are conducted. There are two types of  
15 toxicity tests, acute and chronic. This slide is  
16 for acute. Acute toxicity tests measure  
17 mortality for 96 hours, which is four days. The  
18 test organisms used in this region are fish. To  
19 conduct this test, the fish are placed in tanks  
20 containing 100 percent effluent, and other fish  
21 are placed in the control tanks containing pure  
22 lake water. After each day, the number of dead  
23 fish is counted and the dead fish are removed.  
24 After 96 hours, the total number of dead fish is  
25 compared to the control group, to the total

1 number in the control group. So that's how Acute  
2 toxicity tests are conducted.

3 For Chronic tests, the toxicity effects  
4 include mortality, as well as sub-lethal  
5 responses on growth and reproduction. Some  
6 Chronic toxicity tests can take just one hour,  
7 such as the sea urchin test which measures a  
8 percent of fertilization. The most tests run  
9 more, it takes about two to seven days, both  
10 Acute and Chronic tests share the mortality end  
11 point, and the main difference there is the  
12 Chronic test takes longer, it is seven days,  
13 compared to four days of Acute toxicity tests.

14 Also, in Chronic tests, the organisms are  
15 placed in a series of effluent samples at  
16 different dilution ratios, plus a control. The  
17 toxic end points is measured for each dilution  
18 and compared to the control. The lower the  
19 percent effluent found to be toxic, the more  
20 toxic the effluent is. Because a lower percent  
21 effluent showing toxicity shows a more toxic  
22 effluent, so toxicity is commonly expressed in  
23 terms of Toxicity Unit, or TU. Higher TU means  
24 higher toxicity. If an effluent is not toxic at  
25 100 percent effluent, then the TU is 1.0. For

1 example, if the effluent has to be diluted to 50  
2 percent that is to say by a factor of 2 in order  
3 not to be toxic, the TU will be 2, that's 100  
4 divided by 50, and TU is 2, and effluent is  
5 toxic. So at one TU, the effluent is non-toxic.  
6 Above 1 TU, it is toxic.

7           So what if toxicity is found? The Basin  
8 Plan specifies triggers for accelerated  
9 monitoring if toxicity is found. For shallow  
10 water dischargers like Las Gallinas, accelerated  
11 monitoring is triggered when a single test finds  
12 a 2 TU (Toxic Units), or if two of the most  
13 recent three samples exceed 1 TU, if accelerated  
14 monitoring finds that chronic toxicity is  
15 consistent, the Basin Plan requires that the  
16 Dischargers conduct toxicity reduction evaluation  
17 to identify the cause of the toxicity and to find  
18 ways to eliminate it. In this region, these  
19 Water Permits have included this requirement for  
20 decades.

21           So this concludes part 1 of my  
22 presentation. I will pause here so that we can  
23 answer any questions you may have.

24           CHAIRPERSON YOUNG: You should go into  
25 teaching.

1           MR. WOLFE: Oh, good, I'm glad that it  
2 was clear and direct, there will be a quiz.

3           MR. KISSINGER: Before you go on, there  
4 is in the materials, and you'll talk about it but  
5 it's probably worth talking about in the context  
6 of this sort of academic exercise, can you say a  
7 little bit more about whether Toxicity Units  
8 Acute and Toxicity Units Chronic are both in an  
9 equal usage over the years, or whether one is  
10 more commonly implemented than the other?

11           MS. TANG: I would say another part --  
12 this is Lila Tang, I'm with the Water Board, and  
13 I took the oath -- in other parts of California,  
14 the Nation, Toxic Units for Acute toxicity is  
15 used, but not in this region because the Basin  
16 Plan specifies what our Acute toxicity is and  
17 there's really no point in it because the tests  
18 only involve 100 percent effluent anyway, and so  
19 the way the Basin Plan defines what acute  
20 toxicity is, you must have a certain level, or  
21 you cannot have any mortality beyond a certain  
22 level, which around 70-90 percent. So there's no  
23 benefit in then converting that to a Toxic Unit  
24 of Acute Toxicity. Does that -- but it is used  
25 in other parts.

1 DR. MUMLEY: This is Tom Mumley, maybe a  
2 simple response, as well, is this Board has used  
3 in required Acute Toxicity limits in NPDES  
4 Permits since the mid-'70s. We established our  
5 Chronic toxicity program via Basin Plan in the  
6 very late '80s, early '90s, and the testing in  
7 permits pretty much was the beginning of the '90s  
8 session. So the Acute experience has almost two  
9 decades more than Chronic.

10 MR. KISSINGER: Tom, can you put in  
11 context the Basin Plan for me? I'm going to  
12 reveal a little bit of my ignorance here. I  
13 don't really understand how it fits into the  
14 framework.

15 DR. MUMLEY: Well, as you should know,  
16 the Basin Plan is the overarching water quality  
17 management plan for the Basin and recognizes our  
18 waters, it recognizes the designated beneficial  
19 uses of those waters, it's where the Board has  
20 established water quality objectives to protect  
21 those uses, and then programs of implementation  
22 of those objections. Or the Basin Plan can also  
23 have other programs of implementation,  
24 programmatic, or whatever. So in that context is  
25 where we have the narrative water quality

1 objective that's been in place from the first  
2 Basin Plan, in shorthand, no toxic pollutants in  
3 toxic amounts in receiving water. And to  
4 implement that, the Basin Plan established,  
5 called for acute toxicity effluent limits in  
6 permits, as I said, that started in 1990, so the  
7 idea is it's associating those limits with  
8 attaining those objectives. There was also some  
9 value, we learned back then, and I could get into  
10 the history, but in the early '70s it was not  
11 uncommon to find Acute Toxicity in treated  
12 wastewater due to a number of factors like  
13 they're new plants, there were performance  
14 issues, and the toxicity limits served as a  
15 strong performance measure to get plants  
16 operating better and consistently.

17 MR. KISSINGER: And does that come out of  
18 the Clean Water Act? Or does that come under  
19 Porter-Cologne?

20 DR. MUMLEY: Well, the Basin Plan is the  
21 foundation of both Clean Water Act and Porter-  
22 Cologne. They dovetail well in terms of  
23 salvaging water quality standards and water  
24 quality objectives, programs of implementation,  
25 and policies that would affect permits in

1 specific Regulatory actions.

2 CHAIRPERSON YOUNG: So to reiterate the  
3 question and answer, all of the water quality  
4 criteria that come out of the Clean Water Act,  
5 the other requirements that come out of the Clean  
6 Water Act are generally subsumed into our Basin  
7 Plan. Yes?

8 DR. MUMLEY: Yes.

9 CHAIRPERSON YOUNG: And we may have more  
10 stringent requirements for some things if we have  
11 a site specific reason to do that, but the Basin  
12 Plan is supposed to incorporate everything that  
13 we are going to be implementing under both  
14 Porter-Cologne and the Clean Water Act. Is that  
15 correct?

16 DR. MUMLEY: Correct. And there are both  
17 State and Federal Rules and Regs that we follow  
18 in establishing water quality objectives, so  
19 Federal criteria are not automatically State  
20 Standards, the State Acts, unless EPA takes an  
21 action to unilaterally impose them on the State,  
22 so to speak. And another nuance, and hopefully  
23 not a complication, is the State Board has  
24 authority and does have the Statewide plans to  
25 protect the Statewide waters where the Ocean

1 Plan, Inland Surface Waters, or Closed Basin  
2 Estuary Plans, and the State Board may and can  
3 and has established water quality objectives and  
4 programs of implementation, and such, policies  
5 that could supersede the Regional Basin Plans, or  
6 direct the Basin Plans. And this toxicity issue,  
7 as State Board member Tam Doduc mentioned this  
8 morning, is an issue that's been outstanding and  
9 you will see shortly how it plays out in this  
10 permit issue.

11 MS. WON: Through the chair if I may, I  
12 have one point of clarification, and that is  
13 whenever we adopt Water Quality Standards or  
14 Water Quality Objectives, as we call them, in the  
15 Basin Plan, they are approved by EPA and so, in  
16 essence, they become Federalized. So it's not  
17 just that we're implementing State law.

18 CHAIRPERSON YOUNG: Okay. Do we need to  
19 talk at this point in time separate from the  
20 permit that is in front of us about where the  
21 chronic toxicity issue is now in terms of EPA's  
22 actions, current and potential State Board  
23 actions, and Regional Board actions? Or would  
24 you just prefer to take on that issue as part of  
25 the subsequent discussion?

1           MR. WOLFE: I would say let's go into the  
2 presentation specific because, really, we are  
3 focusing on this permit. And certainly it's  
4 appropriate to understand what State Board is or  
5 is not doing, but the action before you is  
6 specific to this permit.

7           CHAIRPERSON YOUNG: Okay.

8           MR. KISSINGER: On with the show.

9           MS. LIAO: Okay, now for part 2. Part 2  
10 of my presentation is about the Permit Reissuance  
11 for Las Gallinas Valley Sanitary District. I  
12 will briefly describe the facility, provide the  
13 background to the Permit reissuance, and I will  
14 present our response to the comments.

15           I show in this slide the district is  
16 located in Marin County. The facility has a  
17 treatment capacity of three million gallons a day  
18 and serve about 30,000 people in the North San  
19 Rafael area. The treatment plant is located next  
20 to Miller Creek, which flows into San Pablo Bay,  
21 about a mile away. From November to May, the  
22 District discharges into Miller Creek. From June  
23 to October, the discharge to Miller Creek is  
24 prohibited. So at the District reclaims its  
25 effluent in a wildlife pond. That is right here.

1 And the nearby pasture is about 200 acres of  
2 them. It also further treats the effluent to  
3 tertiary recycled water standards for offsite  
4 users and provides effluent to another recycled  
5 water treatment facility in the area. On  
6 average, the District recycles about 21 percent  
7 of its effluent.

8           The District has a good compliance record  
9 during the past five years, except for one  
10 residual chlorine violation. Las Gallinas  
11 complied with all its effluent limitations,  
12 including Acute Toxicity limit, yet the District  
13 has had chronic toxicity issues. Out of 27  
14 tests, 21 contained toxicity greater than one  
15 toxic unit and one contained eight toxic units.  
16 And as a reminder, one toxic unit means no  
17 toxicity, anything greater than one means there  
18 is toxicity.

19           Las Gallinas initiated a toxic reduction  
20 evaluation and identified Pyrethroids as the  
21 likely cause. Pyrethroids belong to a class of  
22 pesticides that is widely used in mosquito  
23 repellent clothing and in pharmaceutical  
24 shampoos.

25           So to address these sources, Las Gallinas

1 has worked to educate the public to reduce  
2 Pyrethroids discharge to the sanitary sewer. In  
3 addition, Las Gallinas has joined a Pyrethroid  
4 Working Group sponsored by the California  
5 Association of Sanitation Agencies. It conducts  
6 periodic sampling for Pyrethroid and shares the  
7 data with a group to help inform the California  
8 Department of Pesticide Regulations and also the  
9 US EPA Office of Pesticide Programs, informed  
10 them of the presence of Pyrethroid in municipal  
11 wastewater in levels that cause toxicity.

12 Consistent with a 2003 State Water Board  
13 Order, the first draft permit that we developed  
14 included a narrative limit with triggers for  
15 accelerated monitoring and toxicity reduction.  
16 EPA reviewed our Administrative Draft and wrote a  
17 preliminary objection letter asserting that the  
18 District's discharge shows a reasonable potential  
19 to exceed the Basin Plan's narrative toxicity  
20 objective. Therefore, EPA said Federal  
21 Regulations require numeric limits.

22 So we revised the Draft Permit developing  
23 numeric chronic toxicity criteria and we  
24 calculated the numeric limits following the same  
25 approach used for many chemical specific

1 pollutants. The limits we derived allow for some  
2 mixing from Miller Creek.

3 The Revised Tentative Order also retains  
4 the same triggers for accelerated monitoring as  
5 in previous permits and as required by the Basin  
6 Plan. These triggers are lower than the effluent  
7 limits, proposed limits.

8 The District Bay Area Clean Water  
9 Agencies, California Association of Sanitation  
10 Agencies and the US EPA all commented on the  
11 chronic toxicity requirements. US EPA gently  
12 supports it, I mean supports our approach. The  
13 other commenters from the Municipal Wastewater  
14 Community oppose it. Their comments are similar,  
15 so we will refer to them collectively as the  
16 Wastewater Commenters. They bring up five  
17 substantial issues.

18 Issues 1 is that the Wastewater  
19 Commenters would like the Board to defer adoption  
20 of numeric limits until after the State Water  
21 Board adopts a statewide toxicity plan. They  
22 believe the 2003 Board Order prohibits the  
23 Regional Board from establishing numeric chronic  
24 toxicity limits. They also claim EPA has  
25 accepted the narrative approach used to date.

1           Our response is that numeric limits are  
2 necessary and appropriate. EPA says Federal  
3 Regulations require numeric limits and EPA now  
4 supports numeric limits. In fact, back in 2003,  
5 EPA Supported the narrative approach only as an  
6 interim measure to allow the State Board some  
7 time to develop a statewide plan. The 2003 State  
8 Board anticipated that a policy would become  
9 completed within one year, but it has been 12  
10 years and the State Board has not adopted such a  
11 policy.

12           CHAIRPERSON YOUNG: May I ask a quick  
13 question on this slide? The commenters have  
14 suggested that the 2003 State Board Order  
15 prohibits us from adopting numeric limits, and  
16 what is our response to that specific  
17 interpretation?

18           MS. WON: I could try to answer that. So  
19 in 2003, the State Board imposed narrative limits  
20 in place of numeric ones in a permit that it was  
21 reviewing in a petition, and in doing so the  
22 State Board expressly stated that it declined to  
23 make a determination as to whether numeric limits  
24 are appropriate, so that comment is incorrect in  
25 that sense. The State Board instead wanted to

1 take up the matter in a regulatory setting,  
2 specifically an amendment to the State  
3 Implementation Plan, and they envisioned doing  
4 it, as Marcia said, within one year, but it  
5 hasn't done so and chronic toxicity exceedances  
6 continue to be an issue. US EPA has now  
7 disavowed the 2003 State Board Order approach  
8 and, based on these differing circumstances and  
9 facts, my take is that the Board is within its  
10 discretion to impose the numeric limits,  
11 especially since, based on my reading of the  
12 Regulations as to chronic toxicity numeric limits  
13 seems to be required.

14 MR. KISSINGER: Well, did I misunderstand  
15 Ms. Doduc's report earlier that she said there  
16 was a difference between EPA and the State Board  
17 on this issue?

18 MS. WON: I don't know the ins and outs  
19 of the dispute between EPA and the State Board on  
20 this issue, my take on reading the Federal  
21 Regulations is that numeric limits for chronic  
22 toxicity are required.

23 MR. KISSINGER: Has the State Board -- I  
24 guess again I'll show ignorance on my part, it  
25 won't be the first time today -- does the State

1 Board ever weigh in on Regional Board  
2 deliberations? Does it give sort of a Friend of  
3 the Court brief --

4 MS. WON: No, because they review our  
5 actions, they review our permits. For example,  
6 the LA Board has been adopting permits with  
7 chronic toxicity, numeric chronic toxicity  
8 limits, and those have been petitioned and the  
9 State Board will be addressing, or if they have  
10 to address the petitions, unless they just  
11 dismiss them.

12 MR. KISSINGER: Is a resolution imminent  
13 in those proceedings?

14 MS. WON: I cannot say, not because I  
15 don't want to, but because I just don't know.

16 MR. KISSINGER: I understand. Okay,  
17 thanks.

18 MS. LIAO: Issue two is that wastewater  
19 commenters want a formal policy for determining  
20 when numeric toxicity limits are needed. They  
21 contend that our methodology is presumptive, they  
22 want the Board to collaborate with stakeholders  
23 to develop a formal methodology for making such  
24 determinations.

25 Our response is that the need for numeric

1 limits in this case is self-evident given that 21  
2 out of 27 samples were found toxic. Aside from  
3 that, we evaluated the data in two other ways and  
4 came to the same conclusion each time.

5           Regarding the stakeholder collaboration,  
6 our response is that a stakeholder process is  
7 appropriate for the development of a policy and  
8 the State Board is already working on such a  
9 policy.

10           Issue 3 relates to the calculation of  
11 numeric limits. The wastewater commenters oppose  
12 numeric limits, but if there must be numeric  
13 limits, they propose a monthly limit of 3.25 TU  
14 and a daily limit of 6.5 TU. These alternative  
15 limits are based on the triggers for accelerated  
16 monitoring after adjusting for a mixing zone.  
17 Our response is that EPA technical guidance  
18 document recommends use of a statistic approach  
19 in calculating numeric limits and that's exactly  
20 what we did.

21           Issue 4 relates to triggers for  
22 accelerated monitoring --

23           CHAIRPERSON YOUNG: I'm sorry, we have a  
24 question.

25           MR. KISSINGER: Just going back to the

1 prior slide for a second, I mean, I don't have  
2 the technical expertise to make any judgment  
3 about the difference between 2.7 Toxicity Units  
4 and 3.25 Toxicity Units. Is it a meaningful  
5 difference?

6 MS. LIAO: It is a difference there.

7 Well, because -

8 MR. KISSINGER: I mean, I guess to be  
9 blunt about it, is the view that we would be in  
10 violation of EPA's regulations if it was 3.25  
11 versus 2.7? Is that difference of a magnitude  
12 that there would be a violation of Federal law  
13 not to have that lower number?

14 DR. MUMLEY: I'll answer that. The frank  
15 answer would be -- oh, this is Tom Mumley, I'll  
16 answer that. The frank answer is no, I mean, the  
17 issue being we are expected to have limits  
18 consistent or that conform with law, which  
19 doesn't provide specificity of how those limits  
20 are established. So the issue here is, is the  
21 technical integrity behind the derivation of the  
22 limits and why we would assert the Revised  
23 Tentative Order limits have more integrity than  
24 the suggested ones. The practical difference is,  
25 recall 2.7, roughly 2.5 Toxic Units would mean

1 something is toxic and 40 percent, and if 3.25  
2 Toxic Units means something it would be toxic  
3 more like 33 percent. So in other words, it  
4 could have a practical difference in terms of  
5 performance and one is more stringent than the  
6 other. But again, the point that Marcia was  
7 making is the suggestion for using the triggers  
8 and how they propose using the trigger as a basis  
9 for limits has some technical flaw that we don't  
10 like compared to our approach, is, if you will,  
11 flawless.

12 MR. KISSINGER: And -- go ahead.

13 VICE CHAIR MCGRATH: I think it's  
14 important that we understand when you use a term  
15 like "statistical approach," I mean, typically in  
16 acute toxicity there is a certainty level, 90 or  
17 95 percent, because we know that organisms differ  
18 and whether or not it's statistically significant  
19 that this amount of toxicity exists. Could you  
20 walk us through what you mean by an approach  
21 consistent with EPA guidance? What does it  
22 conform to and perhaps certainty levels or  
23 distribution of data?

24 MR. JOHNSON: This is Bill Johnson, it's  
25 always fun when I get to talk. So there's two

1 ways that you're talking about statistics.  
2 Statistics actually comes into this analysis  
3 quite a bit. So the statistical threshold for  
4 what would be considered significant toxicity  
5 would be part of the evaluation in terms of  
6 determination when there was no toxicity, and  
7 that would play out in the calculation of what a  
8 Toxic Unit is. Here what we're talking about  
9 when we say that the limit is calculated with  
10 statistical approach is that we're actually doing  
11 something that is a little bit complicated in  
12 that we're making an assumption that translation  
13 of the narrative objective into one toxic unit is  
14 equivalent to a four-day average. And we're  
15 using some statistical assumptions to take that  
16 four-day average into what we're used to seeing  
17 as a monthly average or a daily average, so we  
18 make some assumptions about the coefficient of  
19 variation and then a comfort dilution, and what  
20 we end up with is a monthly limit of 2.7 and a  
21 daily limit of 5.3.

22 DR. AJAMI: So are you saying that the  
23 methodology that they use to come up with 3.25 is  
24 different from the methodology that you use to  
25 come up with 2.7?

1 MR. JOHNSON: Yes.

2 DR. AJAMI: So they're not necessarily  
3 apple to apple comparison?

4 MR. JOHNSON: Right. They're using a  
5 completely different approach. We're using an  
6 approach that's based on the set --

7 DR. AJAMI: The older version that Tom  
8 was mentioning, right, the 1970's --

9 MS. TANG: No.

10 DR. AJAMI: Okay, so why aren't we using  
11 the same methodology, the statistical way to  
12 calculate?

13 MS. TANG: Well, the statistics that  
14 we're using is actually what the State Board  
15 established for chemical specific parameters, you  
16 know, to prevent toxicity from chemicals. So  
17 that seems to have more direct relationship if we  
18 apply it towards the toxicity unit concept. What  
19 the 1970's and 1980's, what was established in  
20 the Basin Plan back then was not really derived  
21 statistically, it was established at 30 percent  
22 mortality and 10 percent mortality, it was as  
23 simple as that. You know, I'm sure whoever made  
24 those decisions were trying to keep it simple,  
25 keep the statistics which you could say, you

1 know, liars and liars, or whatever, I forget what  
2 that term is.

3 DR. AJAMI: So I'm trying to understand,  
4 so their proposed 3.25, how different than is  
5 from our four-day average and monthly --

6 MS. TANG: They don't use any statistics,  
7 they use the trigger which is in the Basin Plan,  
8 which is simply a level that would require the  
9 Dischargers to accelerate monitoring and find  
10 out, you know, what is causing the toxicity. So  
11 they use that number and they applied the same  
12 mixing zone that we are proposing for our limits.  
13 And so it's a very simple calculation, that's all  
14 it is.

15 DR. AJAMI: Okay, but these two aren't  
16 the same -

17 MS. TANG: No, no, the one that you're  
18 proposing is applying as guidance the statistical  
19 methodology to come up with a daily max and a  
20 monthly average that was established by the State  
21 Board based on EPA guidance for chemical  
22 specificity.

23 DR. AJAMI: And that's what you were  
24 mentioning about the two decades later, right?

25 DR. MUMLEY: Correct.

1 MS. TANG: Two decades later, I'm sorry,  
2 I misinterpreted it to mean two decades ago.

3 DR. AJAMI: No, no, I was just trying to  
4 figure out if these two are exactly like what you  
5 were mentioning earlier.

6 DR. MUMLEY: I'll have staff correct me  
7 if I'm wrong, but another point to consider is,  
8 practically speaking, in terms of compliance  
9 based on past data there would be no difference  
10 between these two limits, they should be able to  
11 comply with what would be our proposed, more  
12 stringent limit, than the one that's been  
13 recommended, except if they had a problem in  
14 which case either limit would be a problem. So  
15 for general performance, neither one would be of  
16 consequence, and if there was a problem as we've  
17 experienced in the past, both of them would get  
18 blown out. So --

19 MR. KISSINGER: And what's the  
20 consequence of a permit exceeding the limit?

21 MS. TANG: The consequence would be a  
22 permit violation, they would be subject to  
23 discretionary penalties that the Board may  
24 impose, or even the third party lawsuit. They  
25 would actually have the same requirement, an

1 obligation to find out what the cause of that  
2 violation is, or what the toxicity is. So it's  
3 namely that there would be a violation on the  
4 books and they would be subject to penalties and  
5 other enforcement actions.

6 MS. WON: And one more thing, my  
7 understanding, and Lila correct me if I'm wrong,  
8 is these numbers don't present a compliance issue  
9 for the Discharger, so meaning they can comply  
10 with these numbers.

11 MR. KISSINGER: Well that was the point,  
12 they can, yes.

13 MS. WON: They can comply.

14 MR. KISSINGER: But is there an "if" in  
15 that?

16 MS. WON: They can comply.

17 MR. KISSINGER: But, I mean, this is  
18 where it's a head scratcher for me, I mean, if  
19 this particular chemical which was identified as  
20 the source of the toxicity is something that  
21 comes from a chemical that's applied to pets, or  
22 to clothes to abate mosquitos, or to get rid of  
23 mosquitos, propel mosquitos, I don't think that  
24 San Rafael is anymore unique in its usage of  
25 these kinds of things. I mean, are we setting up

1 an environment where everyone is going to be in  
2 violation of their permits because, I mean,  
3 honestly, how do you abate this problem? Am I  
4 missing something?

5 VICE CHAIR MCGRATH: I have the same  
6 concern, that if the sole toxicity issue is  
7 pyrethroids, the solution may well be  
8 registration and restrictions rather than  
9 addition. But I would kind of like to get the  
10 staff's presentation through and then walk  
11 through what -- I'd like to get some clarity on  
12 the nature of the toxicity responses to chronic,  
13 or is it some lethal --

14 CHAIRPERSON YOUNG: I would actually like  
15 to follow-up on Yuri's comment because that  
16 confused me a little bit. So are you saying that  
17 the Permittee is expected to be able to comply  
18 with these chronic toxicity, ours, except in  
19 cases where the pyrethroids show up? Or in all  
20 cases, in which case --

21 MS. WON: My understanding is in all  
22 cases, but you know, technical staff can better  
23 address this issue.

24 MR. JOHNSON: Well, I would say if you  
25 look at the last four years of data and the 27

1 values that we had, we said 21 out of 27 exceeded  
2 1.0, but 26 out of 27 were less than 2.0. So the  
3 level of toxicity isn't very high. It's just one  
4 value that was as high as 8.0, and it's that one  
5 value that results in the reasonable potential  
6 and, you know, then results in these numeric  
7 limits. So when we're asking can they comply in  
8 the future, there's some uncertainty there, but  
9 it certainly seems that most of the time they  
10 should have no complying even with the monthly  
11 limit, regardless of which number it is, because  
12 the history has been that it's been less than  
13 2.0. But there is at least one instance where it  
14 was higher, and it was as high as 8.0.

15 MR. KISSINGER: I'm sorry, but what was  
16 the figure where we had 21 out of 27?

17 CHAIRPERSON YOUNG: That was greater than  
18 1.0.

19 MR. JOHNSON: Yes.

20 MR. KISSINGER: Oh, I gotcha.

21 DR. MUMLEY: Yeah, so in other words,  
22 even though pyrethroids may have been the cause  
23 of those hits, it would not have resulted in an  
24 effluent level violation, and there's that one  
25 case, and I'm not familiar enough with the case,

1 where there was that one high hit was pyrethroid-  
2 related or not. So your concern, Board member  
3 Kissinger, about the issues like with pesticides  
4 that control which maybe are constrained on those  
5 uses is of statewide interest, that's why Marcia  
6 called attention to the statewide group and we  
7 even engaged with EPA on this, so these pesticide  
8 issues are becoming more of concern as we drill  
9 down in our consideration of toxicity, so your  
10 observation is valid. Fortunately we don't have  
11 evidence that there are large numbers of high  
12 levels of toxicity due to pyrethroids being  
13 discharged to the Bay, and fortunately to date we  
14 don't have observations of pyrethroids in the Bay  
15 that are toxic in and of themselves; we're  
16 finding them, but fortunately not at toxic  
17 levels, so we're keeping our fingers crossed that  
18 that will be the case in the future. But this is  
19 a big issue that is getting attention statewide.  
20 And at least our view of what we're presenting  
21 here doesn't put Las Gallinas in a situation that  
22 is going to be a significant consequence given,  
23 as Bill said, the observations of past toxicity  
24 would not violate these limits except that one  
25 case.

1           MR. KISSINGER:  And why, and maybe I  
2  should let, well, I'll ask it, I can't help  
3  myself, why this particular permit?  I mean,  
4  there's lots of other ones.  Why did we choose  
5  this one?

6           DR. MUMLEY:  It's the one big hit, that  
7  one major finding of toxicity that stands out in  
8  applying our normal procedures for consideration  
9  whether there's a reasonable potential that a  
10 discharge could cause or contribute to a  
11 violation of water quality objective.  When we  
12 see a hit like that, it becomes a factor in that  
13 reasonable potential consideration stew, and so  
14 in dialogue with the EPA, we were led to their  
15 direction to us to include a limit for toxicity;  
16 whereas we've looked at other permits before you  
17 recently and haven't had the cause to say  
18 explicitly that there's that reasonable potential  
19 and therefore a need for a limit.  But the  
20 uniqueness of this site --

21           MR. KISSINGER:  But the upshot of what  
22 we're doing here today based on the briefing  
23 materials is we are going to be issuing numerical  
24 limits now, not just on this one, but all permits  
25 going forward, right?

1 MR. WOLFE: When there is reasonable -

2 MR. KISSINGER: But the gist of what was  
3 in the materials was, any time you were above  
4 1.0, even if the level, I mean that's how I read  
5 it, was any time you were above 1.0 there's a  
6 reasonable potential for toxicity.

7 MR. JOHNSON: Well, you actually have a  
8 little bit more discussion than that, and so when  
9 we are doing reasonable potential analyses from  
10 here forward, we'll probably be writing more  
11 detailed analysis than what's here. And what  
12 we'll probably be doing is proposing an actual  
13 mixing zone ahead of time so that you establish  
14 the mixing zone and determine sort of what  
15 dilution allowance we're going to include and  
16 apply to that one Toxic Unit. So whereas the  
17 level that's considered toxic in the effluent  
18 would remain 1.0 Toxic Unit, the question that  
19 we're looking at with reasonable potential is,  
20 what's the effect on the receiving water? And so  
21 if we allow for some mixing to happen and  
22 determine how much dilution, it may be a number  
23 that's higher than one Toxic Unit. In this case,  
24 it would probably be 3.25 Toxic Units would  
25 become the threshold.

1           MR. KISSINGER: But if there had been --  
2 if that one sample, then, sampling event had not  
3 resulted in a result of 8.0 Toxicity Units, then  
4 we wouldn't be having this conversation? It's  
5 just that one sampling event?

6           MR. JOHNSON: That's probably true, yes.

7           MR. KISSINGER: And we have confidence in  
8 the QAQC that was done on that one sampling  
9 event?

10          MR. JOHNSON: It's the result the  
11 discharger provided to us in its self-monitoring  
12 report, and they have not refuted that value in  
13 their comments.

14          CHAIRPERSON YOUNG: So I have a  
15 clarifying question, as well. I want to make  
16 sure I know how that 2.7 was derived or sort of  
17 know how it was derived. I understand that one  
18 of the variables that determines what that number  
19 is, is the amount of dilution that we're  
20 allowing. So if there were another Permittee  
21 that had a different record of violations, you  
22 know, maybe higher, maybe lower, whatever, but  
23 was discharging into a place where they had the  
24 same dilution credits, would they also get 2.7?  
25 Or does that number change not just based on the

1 dilution amounts, but on their past performance?

2 MR. JOHNSON: That number doesn't account  
3 for past performance in any other way than an  
4 assumption about the coefficient of variation of  
5 the data. But because of the nature of these  
6 data, we're using just a default value. So it  
7 won't matter.

8 CHAIRPERSON YOUNG: So we're not being,  
9 my concern would that we would be faced with a  
10 number of Permittees who would have different  
11 limits based on something more than how much  
12 dilution that they were getting, so that we would  
13 be saying, "Well, you know, this chronic toxicity  
14 units over here is okay, but you have to be lower  
15 over there," when to the critters and the  
16 environment, you know, after you apply the  
17 dilution, we kind of want that -- I'm not being  
18 very articulate, but we want it to be the same.  
19 I mean, we want -- I don't want past performance  
20 and statistics that are inappropriately applied,  
21 let's just say, I'm not saying that these are,  
22 but let me start my sentence over. I think we  
23 ought to be setting limits that are safe for the  
24 environment and not different based on who has  
25 done what in the past and what they found. And

1 my interpretation of your answer is basically,  
2 except for that one coefficient of variation,  
3 it's really the amount of dilution that would  
4 drive any difference in those numbers among  
5 different Permittees.

6 MR. JOHNSON: Right and you would  
7 probably make the same assumption in terms of  
8 coefficient of variation if everything else, so  
9 it's starting with that translation of our  
10 objective as one toxic unit, and from there with  
11 the dilution assumptions, these are the numbers  
12 that come out.

13 CHAIRPERSON YOUNG: Okay, thank you.

14 DR. MUMLEY: Board Chair, I want to just  
15 say you're right, it's the calculation limit  
16 based on the mixing zone and associated dilution,  
17 and bear in mind that this only comes into play  
18 when we have what we call our shallow water  
19 dischargers that have limited dilutions because  
20 the majority, the vast majority of our  
21 dischargers, by compliance with the Basin Plan  
22 prohibition, have a minimum dilution of 10:1; if  
23 you just use 10:1, it's an overly simple  
24 calculation, there's a TU of 10.0. So this  
25 really only has consequence for the shallow

1 players, the shallow water discharge players like  
2 East Bay MUD which goes to deep water under the  
3 Bay Bridge, has a lot of dilution, that if we do  
4 a water quality base calculation for toxicity,  
5 their allowed Toxic Units would be sky high  
6 relative to the receiving water.

7 CHAIRPERSON YOUNG: Okay, we have Newsha  
8 and then we have Jim.

9 DR. AJAMI: I'm still like a little  
10 concerned with that whole calculation and who  
11 uses what kind of calculation for the numbers  
12 they get. So I'm wondering if there is a way to  
13 make sure everybody calculates this number using  
14 the same sort of methodology, that way we are  
15 talking about the same thing, you know,  
16 especially when you sort of like next cases that  
17 come out, or maybe I'm not getting -- my feeling  
18 is if you are not looking at the same thing,  
19 these numbers mean nothing putting them next to  
20 each other if you don't use the same methodology  
21 or assumptions to calculate them. So I wonder  
22 like, moving forward, how we can make sure we  
23 have a uniform way of calculating these things so  
24 then we all know what we are talking about, and  
25 then it's more of a --

1           CHAIRPERSON YOUNG: I think that was my  
2 question, too. And as I understood the answer,  
3 basically the difference between different  
4 Permittees is going to be based on where they are  
5 located and how much dilution they're given in  
6 the place where they discharge, which is, I mean,  
7 that's okay to be different.

8           DR. AJAMI: Yeah, that's okay to be  
9 different, as long as we are using the same --

10          CHAIRPERSON YOUNG: As long as the rest  
11 of the methodology stays the same, which I think  
12 we heard basically yes, it does.

13          MR. JOHNSON: Well, yes, the methodology  
14 would be the same. And you have some discussion  
15 on choosing the methodology, but the one that  
16 we're bringing to you we think is the strongest  
17 and most defensible methodology because what  
18 we've done is we've looked at EPA's guidance  
19 through the Technical Support document, which  
20 basically says a lot about chronic toxicity,  
21 reasonable potential analysis, and then when it  
22 gets to how to calculate a limit, it says, well,  
23 you can do it a different way, we recommend that  
24 you use the statistical approach. But it doesn't  
25 say exactly what that approach is. So then we

1 use the State Implementation Policy which is  
2 exactly how we do it for chemicals, and it's the  
3 statistical approach, and we've applied that. So  
4 we're trying to be sensitive enough not to say  
5 that we couldn't possibly do it the way the  
6 dischargers have proposed, but we really do think  
7 that our way is better and more defensible. And  
8 it has a more well established methodology that's  
9 actually spelled out, and regulation that we can  
10 use as guidance.

11 DR. AJAMI: And that's my point, so can  
12 we make sure everybody is constantly -- because  
13 if these two methodologies are so different, then  
14 that 8.0 might have been 10.0, but we just -- you  
15 know what I mean? Like they calculated that  
16 number, the TU, and they came back with the 8.0,  
17 right? But then just looking at these numbers,  
18 if you would have used your methodology, that 8.0  
19 would have been --

20 MR. WOLFE: But that was the test result.  
21 Here we're using the accumulated results of those  
22 tests.

23 DR. AJAMI: Because that was a direct  
24 test that they did and --

25 MR. WOLFE: Right. So that our goal is

1 from here on forward to have a consistent  
2 approach, and we feel our approach is defensible  
3 and is supported through the technical support  
4 that EPA put out.

5 DR. AJAMI: And I totally agree. I'm  
6 wondering how we can make sure everybody uses  
7 that methodology to calculate their numbers.  
8 That way we just always have, you know, using the  
9 right statistics.

10 MR. JOHNSON: All the permits set out the  
11 methodology and the methodology is the same, and  
12 the permits actually define what a Toxic Unit is,  
13 and so everybody is calculating it the same way  
14 already. We've been doing that for a long time.  
15 Just because we have the triggers have been in  
16 the permits for a long time, so everybody is  
17 doing that the same way. Then the real question  
18 that is coming in here is what do we apply as a  
19 numeric limit?

20 DR. AJAMI: Okay.

21 VICE CHAIR MCGRATH: Can I follow-up on  
22 that? What we're talking about, acute toxicity,  
23 and it's passed that test. So there's an acute  
24 toxicity test which is four days, they've passed  
25 that. For the chronic toxicity, are we talking

1 about a mortality end point or sub-lethal end  
2 point?

3 MR. JOHNSON: The test would include  
4 both.

5 MS. TANG: Which for this particular  
6 case, what was it, which, reproduction or growth?

7 DR. MUMLEY: Serophane (phonetic) is  
8 reproduction.

9 MS. TANG: Well, they're using a  
10 Mysidopsis.

11 DR. MUMLEY: Mysidopsis, I think that --

12 VICE CHAIR MCGRATH: And the duration, so  
13 what we've got is something that is not acutely  
14 toxic for four days' duration of exposure, but  
15 has reproductive effects for what, maybe two,  
16 four, or seven days. And so that's the lab test,  
17 and then we're trying to figure out what that  
18 means in the field when it will be discharged, in  
19 this case to a creek, which will have some flow.  
20 Is that correct? Or to shallow waters in the  
21 Bay. So the question is, are they really exposed  
22 for that long period of time? Or is there  
23 actually in the receiving environment, to go to  
24 the Chairman's question, is there actual real  
25 dilution that would say, "Although we have a TU

1 response that shows some sub-lethal toxicity, it  
2 is unlikely to have a real world impact because  
3 of dilution." Is that -- I'm trying to follow  
4 the logic chain from lab test to field and be  
5 sure whether or not we're talking a sub-lethal  
6 effect or a death point. Did you follow my  
7 reasoning? Bill, you look like you did.

8 DR. MUMLEY: I did. Yeah --

9 VICE CHAIR MCGRATH: Can you rephrase it  
10 better?

11 DR. MUMLEY: Well, yeah. The methodology  
12 that we use for toxic chemical pollutants that  
13 we've used here account for just what you were  
14 saying, you know, it's in the derivation of a  
15 monthly or daily limit, it takes into account how  
16 that's reflected in the discharge, and how that  
17 may affect what's in the receiving water relative  
18 to the standard in play. And the development of  
19 the standard takes into consideration, or the  
20 objective, well, I don't want to confuse you with  
21 the seven-day thing, but that type of exposure  
22 consideration is why we end up allowing for  
23 dilution. There's generally speaking, and I  
24 don't want to misstate this, but generally  
25 speaking you don't allow dilution for acute

1 because the implication is acute, is immediate,  
2 where chronic dilution makes sense relative to  
3 what is the dilution relative to the exposure of  
4 aquatic life. So that's why we end up getting  
5 this. And since we're looking at the numbers, I  
6 would just point out that we have evidence that  
7 Las Gallinas would have had one number that would  
8 have exceeded the daily limit, but the monthly  
9 limits, if they did more monitoring, it's  
10 probably unlikely that they would have exceeded  
11 the monthly limit, so...

12 MR. KISSINGER: So just logistically, how  
13 does this work? This permit is provided, they  
14 have numerical limits under what's proposed for  
15 us, they live with those numerical limits now and  
16 forever? Now -- just five years and then we look  
17 at it again? We look at it a year from now? And  
18 how does this work with regard to other  
19 Permittees? Do the permits that we have going  
20 forward have in them triggers which would impose  
21 numerical limits if they have an excessive level  
22 of toxicity revealed in their testing?

23 MR. WOLFE: It's a five-year period, we  
24 review do the reasonable potential analysis with  
25 each reissuance of the permit, so you may have

1 noted that some permits we've brought before you  
2 recently we actually have removed some  
3 constituents and having limitations on that  
4 because there has not been reasonable potential.  
5 So in this case, we would anticipate that if  
6 there was not another 8.0, or something that may  
7 be considered anomalous, but was considered an  
8 appropriate submittal by the discharger, that we  
9 must consider. If at the next reissuance period  
10 we would go through the reasonable potential  
11 analysis, and it probably wouldn't kick out as  
12 having reasonable potential.

13 MR. KISSINGER: So the reasonable  
14 potential analysis is only done upon application  
15 for and issuance of the permit? Once it's done,  
16 it's done, no matter how many exceedances you  
17 have during the course of your permit -

18 MR. WOLFE: So recognize here we're  
19 looking at the past five years, period. And in  
20 each permit we would do that report of what were  
21 the violations in the past five years, as Jim  
22 noted, that were East Bay MUD had none here. We  
23 did point out there was this 8.0 value, but also  
24 that 21 in 27 exceeded the 1.0 Toxic Unit. We  
25 would expect, then, five years down to take that

1 dataset, to run it through, and say did we have a  
2 violation? Or, using that dataset, do we have  
3 reasonable potential for an exceedance moving  
4 forward? So it's sort of looking at the past  
5 five years, trying to project for the next five  
6 years. The other dischargers, in the same way we  
7 would do that analysis and see if there's a need  
8 for that limitation.

9 CHAIRPERSON YOUNG: I think embedded in  
10 your question is also the consideration that, so  
11 let's say in less than five years the State Board  
12 comes up with some other policy that would make  
13 us think that we should change these limits to be  
14 consistent with the State Board policy the way  
15 the State Board sort of envisions applying all  
16 the EPA's requirements. My understanding is that  
17 we have reopener provisions and that we could  
18 redo it at that time. Is that correct?

19 MS. WON: That's correct. I'm looking  
20 for the exact language.

21 MR. KISSINGER: No, that's fair. But I  
22 guess the other side of the coin is every  
23 Permittee knows what their five-year history has  
24 been and they know what we do here today  
25 presumably will have to be applied consistently

1 to them, so how, you know, I asked the question  
2 why Las Gallinas? Why are we talking about this  
3 one as opposed to all the other applicants? And  
4 the answer was, well, they were such an outlier  
5 with that one sampling event. Is that really the  
6 case? Or I assume because of what's been filed  
7 in comments by commenters, at least the industry  
8 commenters that this is a much bigger issue that  
9 it's going to be more than Las Gallinas that  
10 we're talking about, right?

11 MR. WOLFE: There is that potential,  
12 although another shallow discharger in the Bay  
13 which will be before you soon, EPA has concluded  
14 as we have that there is no reasonable potential  
15 in that case. So it's going to be an ongoing  
16 permit by permit analysis. We recognize that  
17 that's to a certain agree an efficient -- we  
18 would love to have the statewide policy to help  
19 guide us, but in this case there was the  
20 reasonable potential; in the past we had been  
21 addressing that reasonable potential through the  
22 narrative. Essentially EPA said no longer is  
23 that the appropriate direction that you need to,  
24 when there is reasonable potential, use a numeric  
25 approach.

1           MR. KISSINGER:   And Bruce, the way you  
2 said it, so there is no statewide policy right  
3 now?   We've got this --

4           MR. WOLFE:   Correct.   So we're relying  
5 back, as Tom said initially, we're relying on the  
6 Basin Plan, which has allowed narrative, but also  
7 we're relying on EPA guidance through Federal  
8 guidance down to the State Implementation Policy,  
9 and then that has come up with the -- I had the  
10 page on F26 spells out what the Basin Plan  
11 indicates we need to achieve with each permit and  
12 each review of that potential analysis.

13          MR. KISSINGER:   And just to be devil's  
14 advocate for a second, if we were to disagree  
15 with EPA's position, which we did in the first go  
16 round before EPA gave comments, what would  
17 happen?

18          MR. WOLFE:   Then EPA in its letter to us  
19 has indicated it would object to the permit and  
20 they would have the right to issue the permit  
21 themselves and impose the numeric toxicity limit.

22          CHAIRPERSON YOUNG:   Yes.

23          MR. MULLER:   Just a very simple one,  
24 trying to get away from all these PhDs here and  
25 lawyers, could that spike have any impact with

1 the drought conditions we've had in the last four  
2 or five years? Because are we not discharging in  
3 wet weather? We haven't had wet weather.

4 MS. TANG: Well, we haven't had as much  
5 wet weather, but there is still wet weather, so  
6 for the Las Gallinas permit, they're prohibited  
7 from discharge during the dry season. So that's  
8 when the impact of the drought is maybe most  
9 severe, people are all conserving and, you know,  
10 --

11 MR. MULLER: The dilutions would be  
12 changing all the time without the --

13 MS. TANG: Right. We've used very  
14 conservative assumptions in proposing the  
15 dilution credit that we're granting, so in the  
16 shallow water discharge such as this, it's not as  
17 sophisticated as, say, a deep water discharger  
18 with a diffuser where you're actually based on  
19 science, you know, velocities and buoyancy. Here  
20 the mixing zone is a lot dependent upon your  
21 discretion, and we're following guidance in the  
22 Basin Plan that says, "Well, use the same  
23 dilution that you've granted for chemical  
24 specific constituents." In this case, it was the  
25 cyanide mixing zone that is in the cyanide site

1 specific objectives. So it's not like there is  
2 an actual physical thing that we can point to,  
3 here's how we derive that number. We've just  
4 gone back to the Basin Plan and used what was  
5 already developed.

6 DR. MUMLEY: I think to simplify the  
7 issue before you, because we're getting into the  
8 nuances, if we're going to include limits, we're  
9 recommending these limits for the reasons we've  
10 been talking about. Board member Kissinger is  
11 raising that the fundamental issue in the absence  
12 of EPA's objection, this issue wouldn't be before  
13 you because we have been and continue to be  
14 patient and wait for the State Board to establish  
15 a policy for implementing limits because our  
16 approach with triggers has served, continues to  
17 serve a valid purpose of where we find toxicity  
18 hits, we've tried to figure out what's causing  
19 it, and then take appropriate action. So the  
20 issue really is to limit or not to limit the  
21 specificity of the limit is secondary and, again,  
22 I'd say our recommendation is these are the best  
23 numbers that we feel you should consider. So the  
24 option at hand that Board member Kissinger  
25 brought up is to not limit, which then makes this

1 permit vulnerable to objection by EPA.

2 CHAIRPERSON YOUNG: And I do have a card  
3 from EPA for later on. Did you ever finish --

4 DR. MUMLEY: There's a couple more  
5 points, but -

6 MS. LIAO: Okay, now Issue 4. Issue 4  
7 relates to the triggers for accelerated  
8 monitoring in toxicity reduction. The Wastewater  
9 Commenters want the triggers removed or increased  
10 to match the numeric limits. Our response is  
11 that the triggers are appropriate because the  
12 Basin Plan requires them; however, the revised  
13 order does reflect a revision. We are proposing  
14 in response to this comment to clarify that, as  
15 long as any future toxicity continue to be linked  
16 to pyrethroid, the district will not need to  
17 accelerate monitoring.

18 Issue 5 is the Wastewater Commenters want  
19 the Board to remove the acute toxicity limits.  
20 They point to the District's long history of  
21 compliance with acute toxicity limits. Our  
22 response is that the Basin Plan requires acute  
23 toxicity limits. This has been the policy and  
24 our practice in all these water permits since the  
25 1980's.

1 I'd like to call your attention here to  
2 the supplemental passed out to you a little  
3 earlier where we clarify our response to this  
4 comment. And this concludes my presentation  
5 today. I have a picture of the mysis shrimp,  
6 which the District uses in their chronic toxicity  
7 tests. And again, we'd be happy to answer any  
8 questions.

9 MR. KISSINGER: I have one more question  
10 for now. So, you know, you made the point  
11 earlier that toxicity is a really difficult thing  
12 to capture with precision, it's a soup, all kinds  
13 of different chemicals, and so for example you  
14 said one of the revisions to the permit was not  
15 to require accelerated monitoring for  
16 pyrethroids. But how can you know, can it be  
17 known analytically that the pyrethroid is the  
18 cause of the mortality or the other impacts  
19 versus pyrethroids in something else that is in  
20 this stew of effluent?

21 MS. TANG: Well, the change we're  
22 proposing is in a way a compromise to give the  
23 discharger credit that in the past three or four  
24 years they have put in effort to identify  
25 pyrethroids. You know, what's the likelihood

1 that something new is going to come up that's  
2 going to be more toxic to pyrethroids? The one  
3 TUC trigger is rather aggressive, it's any  
4 measurable amount of toxicity is going to start  
5 this chain of accelerated monitoring with  
6 toxicity identification. Each test is above  
7 \$1,500. Did I say that right? One thousand five  
8 hundred dollars to two thousand. And the TIE,  
9 I'm sorry, acronyms, to run through one Toxicity  
10 Identification Evaluation manipulation is on the  
11 order of \$10,000 because you're taking that  
12 sample and then you're running it through  
13 different columns, metals, chelation, just to  
14 categorize, you know, are we talking about an  
15 organic, or a metal, or something else? So these  
16 things are quite costly. It's a small agency.  
17 We think that giving them the credit over the  
18 three years that they've isolated it to this  
19 pyrethroid, let's go with that --

20 CHAIRPERSON YOUNG: If I could follow-up,  
21 practically speaking they do a toxicity test and  
22 they get a hit, then is the first thing they do  
23 take their sample and see if the pyrethroids are  
24 in it, and if they are then we say, "You don't  
25 have to do the more expensive stuff?"

1 MS. TANG: That's not currently -

2 CHAIRPERSON YOUNG: It's sort of a Catch  
3 22, I mean, how do they know until they do -

4 MS. TANG: Well, the way we're proposing  
5 to lay it out is, if they have toxicity that  
6 toxicity should be at a level that exceeds the  
7 effluent limit. Then that's going to trigger  
8 them to run this \$10,000 Toxicity Identification  
9 to see is it still Pyrethroid? Or is it  
10 something new that's coming out? So in a way  
11 we're saying, well, at the lower level of  
12 toxicity that you have been seeing, which you  
13 have linked to the Pyrethroids, let's just assume  
14 that maybe it's continuing to be Pyrethroids.  
15 Again, remember that 20 of the 27 samples were  
16 below 2.0 TUCs. That's a very low level. We've  
17 gotten complaints from dischargers that that's  
18 even too low of a level for them to actually run  
19 these Toxicity Identification Manipulations. By  
20 the time you run it through a carbon filter, for  
21 instance, the loss in the compound that's toxic  
22 is just gone, you don't even know which  
23 manipulation actually reduced that toxicity. So  
24 you know, there's challenges --

25 CHAIRPERSON YOUNG: -- low level ones are

1 (indiscernible)

2 MS. TANG: I mean, these are very  
3 powerful tests, but our tools for figuring out  
4 what the cause is -- and then when we find out  
5 the cause, the tools for reducing them, you know,  
6 is somewhat limited, not that this, you know, the  
7 tests are very powerful, I don't want to say that  
8 they're pointless, but there are all those  
9 challenges that follow.

10 CHAIRPERSON YOUNG: I have to consult  
11 with him on the schedule. He's the hungriest  
12 person on this Board, always.

13 VICE CHAIR MCGRATH: Clearly, we're not  
14 going to get through this.

15 CHAIRPERSON YOUNG: But Jim has allowed  
16 that maybe we should hear from EPA before we have  
17 lunch, so Robyn Stuber, if you would like to come  
18 up? Thank you.

19 MS. STUBER: Good afternoon, Chair Young  
20 and Board members. My name is Robyn Stuber, I'm  
21 representing EPA Region 9's NPS Permit Section,  
22 and I have taken the oath.

23 Today I'm testifying in support of the  
24 proposed permit for Las Gallinas. Of primary  
25 importance is that the permit's chronic toxicity

1 effluent limits comport with the Clean Water Act  
2 and NPDES Regulations.

3           In January, EPA raised concerns about the  
4 lack of numeric limits for chronic toxicity in  
5 the draft permit and prior to public notice, we  
6 worked with your staff to resolve those concerns.  
7 The permit, changed to incorporate numeric limits  
8 that include dilution, now have our full support.  
9 We appreciate that your Board has been a leader  
10 in establishing a strong record of effective  
11 approaches to control and identify priority toxic  
12 discharges. This permit represents an important  
13 milestone in that record as you join similar work  
14 underway for chronic toxicity in the Los Angeles  
15 Region and in the San Diego Regional Water  
16 Boards.

17           I'd like to focus on two issues that we  
18 raised in our January initial objection letter  
19 and these are the use of triggers instead of  
20 numeric chronic toxicity limits, and the need for  
21 daily and monthly water quality based effluent  
22 limits for POTWs based on a determination of  
23 reasonable potential.

24           First, EPA agrees with the staff that the  
25 Las Gallinas discharge exhibits the reasonable

1 potential to exceed the Basin Plan's narrative  
2 toxicity standard, and that water quality based  
3 effluent limits are required.

4 EPA continues to be concerned that many  
5 California POTWs discharging to non-ocean waters  
6 did not meet the Clean Water Act because they  
7 contain only a trigger for further investigation  
8 of toxicity, rather than an actual water quality-  
9 based effluent limit. This concern has been  
10 effectively addressed in the proposed permit.

11 Second, the permit contains chronic  
12 toxicity effluent limits that are as stringent as  
13 necessary to meet water quality standards for  
14 toxicity in your Basin Plan as required by the  
15 Clean Water Act. The numeric daily limit in this  
16 permit, which is based on a single toxicity test,  
17 will restrict highly toxic discharges that we're  
18 all concerned about.

19 The numeric monthly limit based on  
20 multiple toxicity tests will restrict any ongoing  
21 toxic discharges that are of concern for  
22 protecting water quality over time.

23 For these two reasons, EPA believes that  
24 these numeric limits addressing chronic toxicity  
25 are feasible and appropriate and effectively

1 clarify permit compliance for everyone. Your  
2 staff has gotten the chronic toxicity limits in  
3 this permit exactly right. We commend them for  
4 their consistently high standard of work on  
5 permits, in general, and on this important issue,  
6 in particular. We fully support the Las Gallinas  
7 Permit as proposed. Thanks very much.

8 CHAIRPERSON YOUNG: Thank you. Are there  
9 questions?

10 MR. KISSINGER: A couple questions. Are  
11 the numeric limits that we're talking about here,  
12 you've mentioned Los Angeles and San Diego, what  
13 about outside of California? What about  
14 elsewhere? Is this something that's going on  
15 nationwide? Or are we catching up with the rest  
16 of the country?

17 MS. STUBER: For non-ocean discharges,  
18 you are catching up with the rest of the country.

19 CHAIRPERSON YOUNG: We don't hear that  
20 very often. Stunned silence. Are there any  
21 other questions?

22 MR. KISSINGER: Does EPA get involved in,  
23 I take it, the review that's going on by the  
24 State Water Board of the Los Angeles Regional  
25 Board decision?

1 MS. STUBER: Yes, we are actively engaged  
2 in that decision at the highest level of our  
3 management.

4 MR. KISSINGER: And do you know where  
5 that is procedurally? Do you know whether that  
6 is likely to have an answer from the State Board  
7 soon or not?

8 MS. STUBER: There was a recent meeting  
9 between the managers and the attorneys related to  
10 some of the issues that were discussed by the  
11 State Board representative before you today. And  
12 we are expecting that the State Board respond  
13 with a policy soon. There continue to be  
14 disagreements, I think, between EPA and the State  
15 Water Board, particularly regarding the  
16 requirement of a daily limit, and I think that  
17 there are some sticking points around that issue.  
18 There's a difference of opinion between the  
19 lawyers on that.

20 MR. KISSINGER: Are you able to expand  
21 upon that?

22 MS. STUBER: No, I'm not able to expand  
23 upon that. I'm sorry.

24 DR. MUMLEY: I am. The issue at hand in  
25 the policy discussion is whether a discharger can

1 get a one-hit pass and EPA's position is no, the  
2 limit is a limit. And the State Board is  
3 considering an alternative where the second hit  
4 constitutes a violation, not the initial hit.  
5 And it gets into the dilemma of was there  
6 something controllable that wasn't controlled  
7 that caused the hit, which makes an absolute hit  
8 really fundamental, so the principle that Robyn  
9 put forward, these limits have value in terms of  
10 protecting the Bay in an immediate and in a long  
11 term context. The challenges particularly with  
12 POTWs is things can happen beyond their control  
13 that could result in a hit, and result in a  
14 consequential violation, whereas if there's two  
15 hits, that means something is going on that we  
16 could argue should be dealt with. The one-time  
17 potentially uncontrolled source becomes the  
18 issue. So it's fundamentally do you get a one-  
19 hit pass or not, is my simple explanation of what  
20 the dialogue is about right now.

21 MR. KISSINGER: Thank you.

22 CHAIRPERSON YOUNG: All right, thank you  
23 very much.

24 What's the Board's pleasure? Do you want  
25 to break for lunch or do you want to wrestle this

1 one to the ground and then break for lunch?

2 (Cross talk)

3 All right, where are we? I was going to  
4 ask whether the staff wanted to provide any  
5 remarks and put a recommendation on the table,  
6 but before we do whatever additional discussion  
7 we're doing.

8 MR. WOLFE: I would say that I've not  
9 heard anything new or different, this is  
10 obviously a challenging issue because it's  
11 essentially changing our response to a dead  
12 vacation of reasonable potential where we've used  
13 a narrative in the past and going to a numeric;  
14 nonetheless, that is consistent with the Basin  
15 Plan and, in the absence of statewide policy, I  
16 would say it's sort of the next evolution. The  
17 permit does allow reopener should statewide  
18 policy come out and tell us to go in a different  
19 direction. At this point, EPA has validated that  
20 we're going in a direction they feel appropriate.  
21 With the discussion, obviously there's still  
22 ongoing discussions about what the policy will  
23 say, and that may evolve over time, but it also  
24 sounds like if those discussions are continuing,  
25 that having the policy in hand is still many

1 months out, and we've tried to be continuing to  
2 push permits forward for reissuance rather than  
3 say that as an issue that might be resolved in a  
4 few months, so we'll set it aside. So I would  
5 say that it's appropriate to move forward, but we  
6 do have the reopener ability to respond to the  
7 Statewide permit once and if it comes out  
8 differently.

9 MR. KISSINGER: Is there anything that's  
10 driving issuance of this permit now? I mean, I  
11 know that this new permit is to begin anyway,  
12 July 1 is the concept, but if we were not to act  
13 on this permit now, but to -- I don't know  
14 whether Ms. Stuber has insight into just what  
15 imminently is, or soon is, whether that's a  
16 matter of weeks or months. Is there any reason  
17 why we couldn't wait and see what happens over  
18 the next couple of weeks? I would hate to issue  
19 a permit that in fact puts us at variance with  
20 the State Board's policy when there's a fight  
21 that's going on between EPA and the State Board.

22 MR. WOLFE: Well, I would say that, as  
23 you heard from Tam, she's aware of certain things  
24 that are moving forward, she's not aware of  
25 whether the toxicity policy is really moving

1 forward. We know there's been ongoing  
2 discussions. And so I would generally say that  
3 we would like to move forward with reissuance.  
4 In the past -- John Muller remembers this  
5 incidentally -- that we've been called to the  
6 carpet by US EPA by not doing our reissuances, we  
7 try to phase or step our reissuances through, so  
8 setting this on hold and working on something  
9 else sounds good, but it still essentially wastes  
10 our time and the time that we've put into it to  
11 this point. So I would say the fact that we do  
12 have the reopener provides us the opportunity to  
13 make sure of the policy when that policy is  
14 adopted.

15 MS. WON: Mr. Kissinger, I have asked,  
16 you know, when I go up to Sacramento on a monthly  
17 basis what's going on with the Toxicity policy,  
18 and I can't really get a straight answer. So  
19 that tells me nothing is really imminent.

20 MR. KISSINGER: That reminds me of  
21 something that was in the materials, somewhere in  
22 the materials there was a comment that we had  
23 asked the State Board what the status was and  
24 they didn't return our call. Am I mis --

25 MS. WON: I don't recall that.

1           MR. WOLFE: It wouldn't be the first time  
2 that State Board hadn't returned our call, but  
3 still... Tam is very responsive, I'd say. Some  
4 of the others...

5           MR. KISSINGER: I was just very struck by  
6 Mr. Mumley's comment, but that was my reaction in  
7 reading it, there is one outlier report, one  
8 exceedance of a chemical over which Las Gallinas  
9 has no control, and for the next five years  
10 they're locked into what I take to be very  
11 expensive testing protocols, and which will have  
12 an impact on everyone else, or many other people  
13 that we're issuing new licenses for.

14           MR. WOLFE: Well, I'm not sure that's  
15 true, that we would have many others. As I said,  
16 we've already looked at a shallow discharger in  
17 Novato and it's not the case there. And so, yes,  
18 it's unfortunate and we try not to do sort of the  
19 luck of the draw in terms of when your reissuance  
20 is up to do that, we'd rather have a blanket  
21 policy. We don't have that. And so I feel it's  
22 useful to move forward, but recognizing that we  
23 do have the ability to open the permit and modify  
24 it should there be a different approach through  
25 state policy.

1           MR. MULLER: I don't think we should lose  
2 sight of the fine work they've done over the  
3 years, other than this toxicity issue here,  
4 really and truly. But I think if we have an  
5 opener, it gives us a little bit of flexibility  
6 in the future that if we do come down with State  
7 policy, we could hopefully work something through  
8 with them there. But that's my thought.

9           CHAIRPERSON YOUNG: Jim.

10           VICE CHAIR MCGRATH: Notwithstanding my  
11 concerns which are in some ways very similar to  
12 those of Bill Kissinger's, I think the staff --  
13 I'm going to support the staff on this one and I  
14 think they've actually done a marvelous job of  
15 teeing this up in a way that the State Board  
16 maybe can't avoid. To begin with, this is a very  
17 well run sewage treatment plant, I mean, if you  
18 look at the performance data, the idea that there  
19 is chronic toxicity here is a bit of a mystery.  
20 And I'm troubled in general by chronic toxicity  
21 testing, it doesn't have the kind of track record  
22 that acute toxicity, and unlike any of the other  
23 Board members, I used to have to figure out  
24 whether or not an area could be dredged based on  
25 another 20 little hexapods (ph) that survived in

1 the beaker, and you didn't feed them so they had  
2 to be able to get enough food out of the  
3 material, and if there was too much sand in there  
4 you might be in deep trouble. But we had worked  
5 out procedures over a long period of time where  
6 we kind of knew how to manage that test and it  
7 was pretty robust. Sub-lethal tests on  
8 reproduction and particularly contaminants like  
9 Pyrethroids, you just don't have the record that  
10 says "we know this means that." We know in  
11 particular with amphipods that if you catch them  
12 at the wrong stage in their reproductive cycle,  
13 they're weaker organisms. And so how robust a  
14 result you get.

15 I'm also troubled by Pyrethroids as a  
16 contaminant. We know from monitoring data that  
17 we've had in the Regional Monitoring Program and  
18 other areas that in San Francisco Bay, the creeks  
19 around San Francisco Bay and Upper Newport Bay,  
20 Pyrethroids do damage in the environment coming  
21 from their registered use. And if this is a  
22 problem in the environment, it is more a matter,  
23 I think, of making sure that the registration and  
24 use is properly restricted to reflect it.  
25 Notwithstanding those, I think the staff has done

1 this in the right way, as long as there is  
2 discretion to account for dilution that reflects  
3 that a test that uses 100 percent effluent in  
4 fact substantially overestimates the potential  
5 for chronic toxicity in the field. And as long  
6 as there's discretion to account for both the  
7 time factor and the water dilution in the field,  
8 I think it can be properly applied. And then  
9 finally, I think it's better for the dischargers  
10 and for the ratepayers to have the regulatory  
11 discretion rest with the Regional Board than with  
12 EPA on this matter. So I think you guys figured  
13 it out under difficult circumstances and it's a  
14 really complicated thing. Thank you.

15 CHAIRPERSON YOUNG: I'd like to drill  
16 down a little bit following Mr. Kissinger's line  
17 of thought. The fact that we are putting  
18 numerical chronic toxicity limits in this permit  
19 has actually two potential effects on Las  
20 Gallinas, one is that they might have to do some  
21 expensive testing that doesn't reveal any new  
22 information. If they get a chronic toxicity, you  
23 get above the numerical limit. A second is that  
24 they are opened up to third party lawsuits and  
25 potentially to fines from us. I'm okay with that

1 if the hit that they get is from something other  
2 than Pyrethroids. And I'm a little bit concerned  
3 about, you know, another 8.0, that it actually is  
4 just from somebody dumping some Pyrethroids or  
5 washing 10 pets at once, or whatever, in which  
6 case they will have a violation, they will have  
7 to track it down, and I guess I'm okay with them  
8 having to track it down, but I would hate for  
9 them to have to get embroiled in a lawsuit for  
10 something that it seems like they're well aware  
11 of right now and are doing everything that they  
12 can do. So I'm opening that up for the staff to  
13 set my mind at ease that we're not doing  
14 something that causes people to spin their  
15 wheels, or open them up to lawsuits, spend a lot  
16 of money for what basically might not be a water  
17 quality benefit.

18 MR. WOLFE: I would say that, as we've  
19 noted, the limits that are proposed with the  
20 exception of that one time, all of their  
21 monitoring indicates they could achieve those,  
22 and so we don't have a good idea why there was  
23 that one time hit, but nonetheless, recognizing  
24 the work they've done to try to identify  
25 Pyrethroids as the source, we have in response to

1 the District's comments, we have revised the  
2 Monitoring and Reporting Program and, as Lila  
3 noted, we are now saying that if the TIE  
4 indicates that a pollutant or pollutants other  
5 than Pyrethroids causes or contributes, then they  
6 would do the accelerated monitoring. But we're  
7 basically saying that, okay, we're recognizing  
8 the work you've done in the past and so moving  
9 forward, under the expectation that it's going to  
10 be Pyrethroids, you don't need to do that  
11 accelerated monitoring and we've added to the  
12 fact sheet we're basically saying we would not  
13 expect that to provide useful information  
14 regarding the discharger's ongoing efforts to  
15 reduce Pyrethroids.

16           So I think we've softened the blow and  
17 essentially with the way the limits are, they  
18 would not be subject to violation or penalties  
19 for those violations at that level. I think it's  
20 also worth noting since there is the prohibition  
21 on discharge from June to October 31st. To a  
22 certain degree we're only talking about what  
23 would happen after November 1. Maybe we have  
24 some indication that there's some policy change  
25 and we can try to address that before this really

1 triggers something Draconian. We're not trying  
2 to put a big burden on them, unfortunately they  
3 are simply the first one that has come along  
4 that's both exhibited reasonable potential and  
5 essentially gotten EPA's attention.

6 CHAIRPERSON YOUNG: Let me ask a slightly  
7 different question. Let's say that they had  
8 another 8.0. And they did enough analyses to  
9 show that it was Pyrethroids. Is there a way  
10 that we can go back and say, well, you know what?  
11 That really wasn't a violation?

12 DR. MUMLEY: You're asking a question  
13 that we're going to suggest an answer to --

14 CHAIRPERSON YOUNG: You know me so well.

15 MS. TANG: The only way that we would be  
16 able to excuse them from it is to define the  
17 limit in a certain way. So what I would suggest  
18 is something that follows along with what we've  
19 done in the past for pH and chlorine where, you  
20 know, provide some flexibility in the limit  
21 itself. So one way to do that is to add to the  
22 footnote on page 5 of the Tentative Order. Right  
23 now there's currently a footnote 4 for the  
24 maximum daily chronic limit, so I would just  
25 propose that that 4 also be repeated under the

1 average monthly, and add to the footnote the text  
2 that if the discharger can demonstrate the  
3 toxicity is due to Pyrethroids, then that  
4 toxicity is not a violation of this effluent  
5 limit. So what would happen is, they get a hit  
6 of 4.0., let's say, they go and do their TIE  
7 because that accelerated monitoring would trigger  
8 them to do, it comes back as Pyrethroids again,  
9 then you know, that would not be counted, we  
10 would dismiss that report of violation. And they  
11 would not be subject to third party lawsuit or  
12 our discretionary enforcement.

13 CHAIRPERSON YOUNG: That would make me  
14 more comfortable.

15 MS. TANG: Okay, so should I try to read  
16 that into the record? It was pretty simple, but  
17 I'll do it again.

18 CHAIRPERSON YOUNG: Pose supplemental, or  
19 whatever.

20 MS. TANG: So little footnote 4 would be  
21 added to the 2.7 under the average monthly limit  
22 for chronic toxicity, so that that footnote  
23 applies to both, so the footnote would read in  
24 full: "The maximum daily limitation for chronic  
25 toxicity shall be interpreted as the maximum test

1 result for the month. If the Discharger  
2 demonstrates that the toxicity is due to  
3 Pyrethroids -- so let me start again.

4 So the text added to footnote 4 would  
5 read: "If the Discharger demonstrates that the  
6 toxicity is due to Pyrethroids, then that  
7 toxicity is not a violation of this effluent  
8 limit."

9 CHAIRPERSON YOUNG: Do the lawyers have  
10 any objection?

11 The staff recommendation now is that we  
12 adopt this permit with the addition of the  
13 language that Ms. Tang just read into the record.

14 MR. WOLFE: And with the supplemental  
15 that we handed out, and with one additional  
16 change on page F27 in the Fact Sheet, we  
17 mistakenly called the California Department of  
18 Pesticide Regulation as the Department of  
19 Pesticide Registration, so we will fix the name  
20 there, even though it seems they do a lot of  
21 registration.

22 MS. WON: I hate to be the party pooper,  
23 but I just don't see how we can adopt the limit  
24 and then have a carve out when that limit was  
25 based on Pyrethroids.

1           VICE CHAIR MCGRATH: I'm not sure I  
2 follow you that it was based on --

3           MS. WON: Well, even if it wasn't, I  
4 mean, as a limit --

5           VICE CHAIR MCGRATH: -- let me finish.  
6 What I understood from Bill was the limit was  
7 derived from a set of assumptions about the  
8 relationship between daily and monthly that are  
9 in the EPA Guidelines because -- is that not  
10 correct, Bill? We're talking about the value of  
11 2.7 in the table because that's what we're  
12 footnoting, correct?

13          MR. JOHNSON: The limits are derived from  
14 just assumptions about toxicity in general  
15 without respect to cause.

16          VICE CHAIR MCGRATH: And without respect  
17 to Pyrethroids.

18          MR. JOHNSON: Right, it doesn't matter  
19 what the cause is.

20          MS. WON: But regardless of that, I mean,  
21 you're adopting a water quality-based effluent  
22 limit and it's a number, it's a hard and fast  
23 rule, and to carve out little certain exceptions  
24 dilutes the effect of the limit. And clearly  
25 whether that is in fact, you know, a water

1 quality-based effluent, when we adopt a number,  
2 it's a hard and fast number.

3 MR. KISSINGER: But we're not carving out  
4 the monthly average, only creating a carve-out  
5 with regard to the daily limit, and so, I mean,  
6 the argument would be it's essentially building  
7 into this possibility of having a one-hit  
8 exception. I mean, I guess we're kind of  
9 assuming in this that it is going to be just a  
10 one-hit kind of exception and maybe to meet that  
11 concern, because I can see the EPA representative  
12 in the back looking with a close eye, the  
13 question is whether or not it's a recurring  
14 event, or whether you had this one-hit event. So  
15 maybe the footnote is amended further to build  
16 into it that exception goes away if it's a  
17 frequent occurrence. I mean, I do still come  
18 back with --

19 MR. WOLFE: Well, that's why the average  
20 monthly --

21 MR. KISSINGER: Right, exactly.

22 CHAIRPERSON YOUNG: The staff  
23 recommendation was to apply the footnote also to  
24 the average monthly effluent limitation. We  
25 could amend the staff recommendation to only

1 apply the footnote to the maximum daily  
2 concentration, keep the language that we all just  
3 heard in which case it would basically be a one-  
4 hit thing each month.

5 MR. KISSINGER: Right.

6 MR. WOLFE: And that's not unlike what we  
7 have done on that same table you note, Footnote 2  
8 for pH, we're basically providing some level --

9 MS. WON: Perhaps the Board is getting  
10 ahead of the State Board on this issue, I mean,  
11 if this is the exact issue that's being discussed  
12 at the State Board --

13 MR. KISSINGER: Then maybe we should wait  
14 for the State Board.

15 MS. WON: Yeah. But also, I mean, to the  
16 extent you adopt this permit, it makes this issue  
17 a statewide issue, not an issue that the State  
18 Board always is grappling with only with respect  
19 to the LA permits. And if it is a statewide  
20 issue, then there is more pressure for the State  
21 Board to act.

22 MR. KISSINGER: Yeah, but while we're  
23 putting pressure on the State Board, we've got a  
24 bonafide POTW operated and it's got to deal with  
25 the problem, something that they have no control

1 over and may have these one-off exceedances, so  
2 we're trying to build in some way to mitigate its  
3 impact.

4 VICE CHAIR MCGRATH: The equity concern  
5 that I have, that I'm not at all troubled with  
6 serving up to the State Board, and I'm glad Tam  
7 is here, if in fact the registration of  
8 Pyrethroids for flea control that is used in a  
9 tributary to a sanitary system is causing  
10 environmental problems, we shouldn't visit Las  
11 Gallinas and all the other sewage entities with  
12 solving that. That's a problem that has to do  
13 with the registration and use of the chemical.  
14 And to warp our system for that purpose, I don't  
15 believe is equitable. So I'm not troubled by  
16 carving out an exemption for a pesticide that we  
17 know we've got issues with. I mean, the answer  
18 to that in my mind is to further restrict that  
19 pesticide in order to protect the Bay.

20 MR. JOHNSON: Can I just point out that  
21 EPA has some comments on this.

22 MS. STUBER: I think Lila's proposal has  
23 put us right in the box of EPA's and the State  
24 Water Board's disagreement over single hits, and  
25 I think that there is some flexibility there in

1 how they're addressed. But EPA's concern has  
2 always been that if you -- when is toxic too  
3 toxic? I mean, what if there is a fish kill and  
4 the permit actually authorizes that because  
5 there's no daily restriction on toxicity. We're  
6 trying to find the right balance, that's why we  
7 typically set daily maximum limits at higher  
8 magnitudes than we do monthly average limits.  
9 And that's typically how EPA has laid out  
10 addressing these issues, not only for chemicals,  
11 but also toxicities. So that's why we're  
12 supporting the daily maximum limit there. The  
13 regulations also envision that if the permitting  
14 authority is aware of the toxicant when they're  
15 establishing reasonable potential, that they set  
16 a water quality-based effluent limit for that  
17 toxicant. So if you believe that there is  
18 reasonable potential for Pyrethroids to cause a  
19 water quality violation for this permit and for  
20 this discharge, you would set a numeric limit  
21 just like you do other contaminants that are  
22 causing water quality problems.

23 MR. KISSINGER: Well, but then to pick up  
24 Board member McGrath's point, I mean, Pyrethroids  
25 are not something that are in ordinary use. It's

1 not something that the treatment works can do  
2 something about unless you tell me otherwise.

3 MS. WON: Mr. Kissinger, may I offer some  
4 examples? So for example, we in our POTW permits  
5 regulate Mercury, we regulate Copper, both our  
6 sources that the POTs have nothing to do with,  
7 it's really like dentists using mercury fillings  
8 and copper brake pads, but we have those limits  
9 because, as Robyn is saying, you know, there is a  
10 reasonable potential for excursions of those  
11 water quality limits, so we need to put those  
12 limits in and we can't put a carve out saying,  
13 okay, well, for copper, if the source is  
14 dentists, then it's not a violation. That's not  
15 --

16 MR. KISSINGER: No, I take that point and  
17 know they're in common usage, but I mean, again  
18 I'm reacting to this situation of one excursion  
19 and we're putting in a limit here that is going  
20 to be very costly to Las Gallinas over the long  
21 term, and I guess I'm pushing back on Jim's  
22 point.

23 MR. WON: You're a very nice person to  
24 consider cost, but in just how the Regulations  
25 work, I just don't see how we cannot impose a

1 hard and fast limit.

2 DR. AJAMI: Can I ask a question? Bill,  
3 is your concern the fact that this is just one of  
4 one discharger rather than everybody else being  
5 subject to the same rule? Is that your concern?  
6 I'm just trying to figure out, imagine tomorrow  
7 State Board comes back and says these limits are  
8 the limits, let's just be hopeful. That means  
9 that everybody is subject to it. Then it doesn't  
10 matter, right? Then everybody should be sort of  
11 complying with the rule, no matter what the cost  
12 is. Is that? I'm just trying to figure out --

13 MR. KISSINGER: I think it's a  
14 combination -- as I read the materials I  
15 understood that the State Policy to date, whether  
16 it's been formally articulated by the State  
17 Board, or in essence, alluded to in their 2003  
18 Decision has been to use a narrative response  
19 rather than a numerical limit, and that that  
20 remains the default policy, if you will, and it  
21 was our policy up and until EPA voiced its  
22 objections. We are taking an action that there  
23 are good reasons to do it, but then I would look  
24 at the particular circumstance that we're doing  
25 it, you know, there's a phrase that a lot of

1 lawyers use, you know, good facts, bad facts make  
2 bad law. And I feel like that's what we're  
3 dealing with here, and I certainly take your  
4 point that, you know, Mercury and all kinds of  
5 other commonly used chemicals end up being a  
6 problem with a POTW at the end of the pipe, but  
7 this feels so one-off to me, where we have one  
8 hit and that's driving what we're doing here.  
9 And I don't have a sense, and haven't been able  
10 to get a sense, of whether what we're doing here  
11 will cause very big impacts on lots of other  
12 POTWs, or whether it's just this one -- I take it  
13 it's got a broader impact, by BACWA's and CASA's  
14 input; on the other hand, they're not here today  
15 to talk about the degree of horrible, so maybe  
16 it's not and they were just doing it in  
17 solidarity with Las Gallinas, I don't know. So  
18 I've given you sort of an imprecise answer to  
19 your question, that's my reason for hesitating,  
20 particularly when the State board presumably is  
21 about to do something, although they've been  
22 about to do something since 2003, so I -- Mr.  
23 Wolfe's point of why wait.

24 VICE CHAIR MCGRATH: I'm going to take  
25 another run at this. I mean, I understand EPA's

1 concern, but I think the fish kill response is  
2 not accurate. I mean, we are talking about  
3 effluent that meets an acute toxicity  
4 requirement, we're talking about trying to figure  
5 out in a regulatory scheme the ecological  
6 significance in a field of a sub-lethal effect,  
7 an impairment or even an assume impairment of  
8 reproduction on land. And from my experience,  
9 which is admittedly at this point about 12 years  
10 out of date for being really active, the modeling  
11 that takes you from an occasional excursion into  
12 reproductive impairment to a significant impact  
13 in the field is not robust in a comparative  
14 sense. And to take that as a general rule and  
15 then take the particular case of Pyrethroids is  
16 what I find most troubling in this. I mean, I  
17 have no problem with the idea of a chronic  
18 requirement here based on toxicity units because  
19 there is a reasonable potential on three metals,  
20 and I looked at that. But the Pyrethroids just  
21 in terms of it is not like we have a pesticides  
22 manufacturing plant in the area and we need to  
23 make sure we've got a really good industrial pre-  
24 treatment program; we've got something that's  
25 caused by legal use, registered use. And if

1 that's a problem, the way to fix it is not with  
2 toxicity policy, the way to fix it is by changing  
3 the registration of use of that chemical.

4 CHAIRPERSON YOUNG: Let me make a point  
5 and see where it goes. One of the reasons why I  
6 was comfortable initially with the additional  
7 language was that I also had in the back of my  
8 mind that Las Gallinas was continuing to have a  
9 pretty aggressive as a program as they possibly  
10 could to address the Pyrethroid problem, so that  
11 charging them with a violation at the same time  
12 that they're already doing everything that would  
13 result from us telling them that they were in  
14 violation didn't quite make sense to me, and it  
15 still doesn't, although I'm sensitive to Yuri's  
16 arguments. So what is in this permit other than  
17 the language on pollution prevention programs  
18 that assures us that Las Gallinas is going to  
19 continue to still be very aggressive in its  
20 public education efforts, and in its  
21 participation in the CASA group, and doing  
22 everything that they can do to address the cause  
23 of the problem.

24 DR. MUMLEY: To my knowledge, it was  
25 Bill, is there something specific in there?

1 Otherwise it translates into how we would  
2 exercise enforcement discretion. I mean, it  
3 seems like the heart of this discussion right  
4 now, and I am similarly moved by Yuri's legal  
5 advice, that we're dealing in tricky territory to  
6 carve out an exception in the absence of all the  
7 information I'd like to have to make this case.  
8 But it seems like the main reason we're doing it  
9 would be to provide protection for Lagunitas from  
10 some third party enforcement because, based on  
11 this dialogue that we're having with you and our  
12 knowledge, as long as Las Gallinas was  
13 appropriately acting on Pyrethroids in the lake  
14 as we would expect them to do, we obviously --  
15 we're not going to penalize them when they're  
16 doing what we would want them to do to address  
17 the issue. So do we really want to, I guess I'll  
18 put it -- should we be sticking our necks out to  
19 take on this, protect somebody from a third  
20 party, and for some circumstances we don't even  
21 know may or may not exist, and I'm quite wary of  
22 doing that because we have considered and heard  
23 those concerns in many other circumstances in the  
24 past, and, Board member Young, you're nodding  
25 your head, as you know, we generally say we don't

1 go there. We look at the integrity of our action  
2 and how we would implement it. So, I mean, it  
3 really does boil down to, do you include a daily  
4 limit or you don't. And I think when you try to  
5 get into carving it - we're in Marin territory,  
6 then I think we should heed legal counsel to  
7 definitely be wary of because that in and of  
8 itself is not necessarily going to make EPA say,  
9 okay, we'll live with that, any more than they  
10 would live without a limit.

11 CHAIRPERSON YOUNG: Okay, well, I  
12 appreciate staff trying to address my concerns.  
13 I think the Las Gallinas folks have internalized  
14 the fact that we were trying to help them out,  
15 but I would be prepared to support the staff  
16 recommendation minus the change in the footnote.  
17 I'm persuaded by Yuri's arguments. I would also,  
18 though, want to have reports to this Board and  
19 potentially actually reopen the permit if it  
20 turns out that we have a number of these  
21 situations where because of Pyrethroids, these  
22 folks are spending a lot of extra money and not  
23 doing -- not being able to do anything that  
24 actually improves water quality.

25 MR. WOLFE: Well, let me just sort of say

1 what the potential consequence of all this. We  
2 have revised the Monitoring and Reporting Program  
3 to include the phrase, "The Discharger shall  
4 conduct a Toxicity Identification Evaluation when  
5 there is an exceedance of the chronic toxicity  
6 limitation." In other words, this sets up those  
7 limits. So if they're exceeded, the 2.7 monthly,  
8 or the 5.3 daily, then they would go into the  
9 Toxicity Identification Evaluation. That would  
10 be considered also a violation. Then we have  
11 added the language: "The Discharger shall  
12 accelerate monitoring to monthly if the TIE  
13 indicates that a pollutant or pollutants other  
14 than Pyrethroids causes or contributes to the  
15 toxicity and routine monitoring exceeds the  
16 triggers.

17 So to me, trying to be the Engineer  
18 looking pragmatically here, and for this year,  
19 while the effective date is July 1, that means  
20 the discharge to waters begins November 1, so for  
21 the first quarter they would be doing this  
22 sampling would be before December 31st this year  
23 for the first sample. It's conceivable we may  
24 have something from State Board before then, I'm  
25 working at this job too long to hang my hat on

1 that, but it's conceivable. So that gives us a  
2 point to make some modification, but it also  
3 comes down to really when is it that Las Gallinas  
4 is at risk of any consequence: it's those  
5 exceedances of the 2.7 monthly, or the 5.3 daily,  
6 which happened once in the past five years. In  
7 the past with other Dischargers, we would say,  
8 okay, that triggers you to go through the  
9 accelerated monitoring, toxic identification  
10 evaluation. We are softening the blow by  
11 basically saying that we're accepting that that's  
12 Pyrethroid caused, unless there's some other  
13 reason to determine that it's not Pyrethroid  
14 caused.

15           So it seems to me that we have revised  
16 the permit already to a certain degree to soften  
17 the blow. Yes, this is the first time we've  
18 actually taken this numeric approach which is  
19 new, we're also optimistic that there will be  
20 resolution of the issue by the State Board during  
21 this permit term. We do have the ability to  
22 reopen, and at this point we have not identified  
23 any other Discharger that is needing numeric  
24 limits, not to say that there won't be, but we  
25 have yet to do so. So I think we do look to

1 counsel for your legal advice, and I agree, and  
2 as Tom said, we have had other requests somewhat  
3 along these lines to try to carve out language  
4 that seems to speak to only one situation, and  
5 unfortunately at times we sometimes find it  
6 doesn't or we've done something that we haven't  
7 considered in so doing.

8           So based on that, I'll reiterate and  
9 restate the staff recommendation is that we  
10 recommend adoption of the permit Tentative Order  
11 before you, which includes rescission of the  
12 Cease and Desist Order, which we haven't really  
13 touched on, but that's just basically saying that  
14 they've complied with everything relative to  
15 Copper that the past permit required. And that  
16 we revised our response to comments as noted in  
17 the supplemental, and that we modified the  
18 language to ensure we have the correct name of  
19 the Department of Pesticide Regulation in there.  
20 So that would be my recommendation do the Board.

21           MS. WON: A CDO is involved and we need  
22 four affirmative votes for Bruce's recommendation  
23 to pass.

24           CHAIRPERSON YOUNG: Are we ready for a  
25 motion?

1           VICE CHAIR MCGRATH: I'll move the staff  
2 recommendation that is without the change that we  
3 discussed, it is as Bruce stated.

4           DR. AJAMI: I'll second that.

5           CHAIRPERSON YOUNG: All right, let's have  
6 a roll call, unless there is additional  
7 discussion? Let's have the roll call vote, then,  
8 please.

9           MS. TSAO: Board member Kissinger - Aye;  
10 Board member Ajami - Aye; Board member Muller -  
11 Aye; Vice Chair McGrath - Aye; Chair Young - Aye.

12           CHAIRPERSON YOUNG: So moved. All right,  
13 we are going to have a lunch recess.

14                           (Recess at 1:11 p.m.)

15                           (Reconvene at 1:52 p.m.)

16

17

18

19

20

21

22

23

24


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 22nd day of May, 2015.

A handwritten signature in black ink that reads "Juliana Link". The signature is written in a cursive style and is positioned above a horizontal line that extends to the left across the page.


Juliana Link  
CER-830

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 22nd day of May, 2015.

  
\_\_\_\_\_

Karen Cutler  
Certified Transcriber  
AAERT No. CET\*\*D-723